

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

- BEFORE THE PUBLIC SERVICE COMMISSION OF UTAH -

-o0o-

Pass-Through Application)
of Dominion Energy Utah for)
an Adjustment in Rates and)
Charges for Natural Gas)
Service in Utah)
) DOCKET NO. 23-057-03
Application of Dominion)
Energy Utah for an)
Adjustment to the Daily)
Transportation Imbalance)
Charge)
_____) DOCKET NO. 23-057-04

Public Hearing
Taken on Monday, February 27, 2023
At 9:00 a.m. MT

At Heber M. Wells Building
160 East 300 South
Fourth Floor, Hearing Room 403
Salt lake City, Utah 84111

Reported by: Brooke Simms, RPR, CCR, CSR

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

The Public Service Commission:

Presiding Officer John Delaney

For Division of Public Utilities:

Patricia Schmid

Patrick Grecu

UTAH ATTORNEY GENERAL'S OFFICE

For Dominion Energy Utah:

Jennifer Nelson Clark

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

	PAGE
AUSTIN C. SUMMERS	
Direct Examination By Ms. Clark	5
RUSSELL CAZIER	
Direct Examination By Ms. Schmid	13
JESSE JACKSON	
Direct Examination By Ms. Clark	20
Cross-Examination By Ms. Schmid	22
RYAN DAIGLE	
Direct Examination By Ms. Schmid	24

1 P R O C E E D I N G S

2 -o0o-

3 PRESIDING OFFICER: Good morning, everybody.
4 My name is John Delaney. I'm the commission's
5 designated representative for this hearing.

6 Today is February 27th. It's 9:00 a.m., and
7 we're here on the consolidated hearing of two dockets.
8 The first is Docket 23-057-03. The second docket is
9 23-07-04 (sic). Is that right?

10 Okay. Why don't we start with appearances,
11 please.

12 MS. CLARK: My name is Jenniffer Clark. I'm
13 counsel for Dominion Energy Utah. I have with me today
14 Austin Summers, who will be testifying to the first
15 docket, and also Jesse Jackson, who will be speaking on
16 behalf of the Company for the second docket today.

17 PRESIDING OFFICER: Thank you.

18 MS. SCHMID: Good morning. I'm Patricia
19 Schmid with the Utah Attorney General's Office on
20 behalf of the Division of Public Utilities. Our
21 witness for the first docket, the -03 docket, is Russ
22 Cazier. Our witness for the second docket, the -04
23 docket, is Ryan Daigle. Thank you.

24 And with me at counsel table, two chairs down,
25 is Patrick Grecu, who is also an assistant attorney

Page 4

1 general representing the Division of Public Utilities.
2 Thank you.

3 PRESIDING OFFICER: Welcome. Anybody from the
4 Office here today?

5 Okay. All right. Are there any preliminary
6 matters you'd like to discuss before we get going?

7 MS. SCHMID: No.

8 PRESIDING OFFICER: Okay. Please call your
9 first witness in the Docket 057 -- I'm sorry --
10 23-057-03.

11 MS. CLARK: Thank you. The Company calls
12 Austin C. Summers.

13 PRESIDING OFFICER: Good morning, Mr. Summers.
14 Do you swear to tell the truth?

15 THE WITNESS: Yes.

16 PRESIDING OFFICER: Thank you.

17 AUSTIN C. SUMMERS

18 was sworn and testified as follows:

19 DIRECT EXAMINATION

20 BY MS. CLARK:

21 Q. Mr. Summers, please state your name and your
22 business address for the record.

23 A. My name is Austin Summers. My business
24 address is 333 South State Street, Salt Lake City,
25 Utah.

Page 5

1 Q. And what position do you hold with the
2 Company?

3 A. I'm the manager of rates and regulation.

4 Q. Mr. Summers, did you prepare or cause to be
5 prepared the application in this docket along with the
6 accompanying Exhibits 1.1 as well as the reply comments
7 in this docket with accompanying Exhibits 1.1U through
8 1.9U?

9 A. Yes.

10 Q. And do you adopt those as your testimony
11 today?

12 A. Yes, I do.

13 MS. CLARK: The Company moves for the
14 admission of the application with accompanying Exhibits
15 1.1 through 1.8 and the reply comments with
16 accompanying Exhibits 1.1U through 1.9U.

17 PRESIDING OFFICER: Any objections?

18 MS. SCHMID: No objections.

19 PRESIDING OFFICER: They're admitted.

20 MS. CLARK: Thank you.

21 Q. (BY MS. CLARK) Mr. Summers, can you please
22 summarize the relief the Company is now seeking in this
23 docket?

24 A. Yes. In pass-through Docket Number 23-057-03,
25 Dominion Energy respectfully asks the Utah Public

1 Service Commission for approval of \$845,082,562 in Utah
2 gas cost coverage. This is the same gas cost that was
3 used in the Company's most recent pass-through filing
4 last fall.

5 As discussed in the Company's reply comments,
6 the only difference in this application is an increase
7 to the commodity amortization rate due to an extreme
8 increase in the undercollected balance during December
9 of 2022. That undercollection has grown by almost
10 \$164 million since the last pass-through was filed.
11 The balance is now almost \$225 million, which results
12 in a debit commodity amortization rate of \$1.95949 per
13 dekatherm.

14 The Company and the Division are proposing
15 that all other rates remain unchanged. The Company
16 worked with the Division of Public Utilities to adjust
17 the Company's original application. The changes agreed
18 to and proposed in the Company's reply comments will
19 help reduce the undercollected balance more quickly,
20 will save customers some interest expense, and will
21 reduce future pass-through increases.

22 If this application is approved, a typical
23 Utah GS customer using 70 dekatherms per year would see
24 an increase of \$99.91 or a total annual increase of
25 about 11.52 percent.

1 These rates are just, reasonable, and in the
2 public interest. Therefore, we request the proposed
3 commodity amortization rates be allowed to go into
4 effect on March 1st, 2023, on an interim basis.

5 Q. Does that conclude your summary?

6 A. It does.

7 MS. CLARK: Mr. Summers is available for
8 cross-examination and questions from the hearing
9 officer.

10 PRESIDING OFFICER: Thank you very much.
11 Ms. Schmid?

12 MS. SCHMID: No questions.

13 PRESIDING OFFICER: I do have a couple of
14 questions.

15 THE WITNESS: Sure.

16 PRESIDING OFFICER: Can you give a little
17 context? You mentioned that the undercollection rate
18 is -- I think you used the word "extreme." Are there
19 market conditions out there that are creating this
20 situation? And if so, can you please elaborate a
21 little bit?

22 THE WITNESS: Sure. Yeah. There are -- there
23 are several things that have happened over the last --
24 I'd say this probably started last fall. One is --
25 well, maybe last summer.

1 One is that there were higher prices last
2 summer than what we would normally have expected, and
3 that is everywhere in the west. So I think a lot of
4 companies were looking at their storage situation, and
5 companies didn't want to fill their storage at those --
6 at those high prices.

7 That led to, ultimately, kind of a reduced
8 supply in -- in the west. Those prices never really
9 did settle down, if you will. So they -- so a lot of
10 companies really just were -- they never did fill their
11 storage.

12 Dominion was in a good situation, and we did
13 have our storage filled. And so we were able to go
14 along with our normal operations and had plenty of
15 supply, but the gas that we did have to purchase was --
16 was more expensive. So -- so storage was one issue.

17 Another issue was the -- was the El Paso line.
18 There's a line that feeds southern California, and that
19 line is currently out of service. It's -- it's getting
20 near to being placed back into service, from what I
21 hear, but it's not there yet. So that caused a supply
22 issue as well just getting natural gas into California.
23 So a lot of the California producers were buying
24 natural gas from the same locations as the Company was,
25 and -- and so that pushed prices up.

1 The last thing -- and I had it in my mind
2 here. I might be drawing a blank for a second. If you
3 just give me a moment to think it.

4 PRESIDING OFFICER: That's fine. Take your
5 time.

6 THE WITNESS: Yeah. Let me just retrace my
7 steps because it was there.

8 So there was the line that was out. The
9 storage. And I'm not thinking of the last thing
10 that -- oh, oh.

11 So the other thing that has happened is
12 drought that is -- that was in the west. So for much
13 of last year, with the drought, that means that hydro
14 producers of electricity just don't have water to
15 produce their power. So what happens in that situation
16 is that power producers will be using natural gas to
17 produce power instead of that hydro. So that, again,
18 reduces supply in the west, and -- and raised prices.

19 So we got that combination of things that was
20 happening all at the same time, and that's really what
21 led to the higher prices.

22 PRESIDING OFFICER: Great. Thank you. So two
23 other questions. One is kind of -- generally, what is
24 the calculation -- how did you -- how did you calculate
25 the --

1 (Reporter clarification.)

2 PRESIDING OFFICER: How did you calculate the
3 carrying charge in the pass-through application?

4 THE WITNESS: Yeah. So the carrying charge --
5 so --

6 PRESIDING OFFICER: And all I'm looking for is
7 just the formula to calculate.

8 THE WITNESS: Yeah. It is -- it is as simple
9 as what is the interest rate, and it's multiplied by
10 the balance that's in the 191 account.

11 PRESIDING OFFICER: Okay.

12 THE WITNESS: So it's usually a historical
13 number that's calculated every -- every month, and that
14 number is an actual number that would end up in the --
15 in the undercollected balance that would be collected
16 in the amortization rate.

17 PRESIDING OFFICER: Okay. So then my
18 follow-up question for that is you had mentioned that
19 with the updated exhibits, it will reduce the -- some
20 interest charge going forward.

21 THE WITNESS: Right. Yeah.

22 PRESIDING OFFICER: And let me continue.
23 Is that the same as the carrying charge?

24 THE WITNESS: Yes.

25 PRESIDING OFFICER: Okay.

1 THE WITNESS: Yes, that's correct. So the way
2 that will work -- the way it will reduce interest
3 expense is by paying down that balance a little more
4 quickly. So every month, going forward, if that
5 balance is lower, that interest rate -- that carrying
6 charge will also be lower.

7 PRESIDING OFFICER: Great. Thank you.

8 THE WITNESS: Sure.

9 PRESIDING OFFICER: I don't have any other
10 questions.

11 THE WITNESS: Okay.

12 PRESIDING OFFICER: Any --

13 MS. CLARK: I don't have any follow-up.
14 Thanks.

15 PRESIDING OFFICER: Nothing -- nothing more
16 from you, Ms. Schmid?

17 Okay. Your witness, Ms. Schmid.

18 MS. SCHMID: Thank you. The Division would
19 like to call Mr. Russ Cazier. May he please be sworn?

20 PRESIDING OFFICER: Good morning, Mr. Cazier.
21 How are you?

22 THE WITNESS: Good morning. Doing well. How
23 are you?

24 PRESIDING OFFICER: Good. Do you swear to
25 tell the truth?

1 THE WITNESS: Yes.

2 PRESIDING OFFICER: Good. Thank you.

3 RUSSELL CAZIER

4 was sworn and testified as follows:

5 DIRECT EXAMINATION

6 BY MS. SCHMID:

7 Q. Please state and spell your name for the
8 record.

9 A. Russell Cazier, R-u-s-s-e-l-l C-a-z-i-e-r.

10 Q. By whom are you employed?

11 A. The Division of Public Utilities.

12 Q. And what is your title? And then what is your
13 business address?

14 A. Utility analyst, and my address is 160 East
15 300 South, Salt Lake City.

16 Q. Have you participated on behalf of the
17 Division in this docket?

18 A. Yes, I have.

19 Q. As part of that participation, have you
20 reviewed, discussed, and analyzed the original
21 application DEU filed and then the updated information
22 that it filed?

23 A. Yes, I have been part of both.

24 Q. Did you prepare and cause to be filed the
25 Division's action request response dated February 15th

Page 13

1 in both confidential and redacted form?

2 A. Yes.

3 Q. And just to make it clear, the information in
4 that action request response, with one exception, is
5 based upon the original application and other
6 information that the Division received from Dominion
7 and does not include anything from the update?

8 A. Correct.

9 Q. There's one thing that I believe needs to be
10 corrected in our action request response. It is on the
11 control sheet. That is the first page of our Exhibit
12 DPU 1.1. Can you discuss that?

13 A. Yes. So the Company originally filed and
14 provided this, and then due to some of the discussions
15 and analysis we were undergoing -- undertaking, the
16 Company provided some additional modeling. At one
17 point, we used this file version here, and it had some
18 outdated rates in it. So we do have some numbers that
19 changed from the time of our response to the final
20 version.

21 Q. With that explanation, do you adopt the
22 Division's action request response as your testimony
23 here today?

24 A. Yes, I do.

25 MS. SCHMID: The Division would like to move

1 for the admission of DPU Action Request Response in
2 both confidential and redacted form.

3 PRESIDING OFFICER: Any objections?

4 MS. CLARK: No objection.

5 PRESIDING OFFICER: Okay. They're admitted.

6 MS. SCHMID: Thank you.

7 Q. (BY MS. SCHMID) After the Division submitted
8 its action request response, DEU filed updated
9 information with the Commission. Have you had a chance
10 to review that updated information?

11 A. Yes, I have.

12 MS. SCHMID: Normally we don't give what would
13 be called live surrebuttal, but in this instance I
14 would like to request permission to have our analyst
15 discuss the updated information because Dominion
16 referenced that the Division supported it, and that is
17 true. I'd just like more context to be added to that.

18 PRESIDING OFFICER: Any objection?

19 MS. CLARK: No objections.

20 PRESIDING OFFICER: We'd welcome that.

21 MS. SCHMID: Thank you.

22 Q. (BY MS. SCHMID) Do you have a summary to
23 present today?

24 A. I do.

25 Q. Please proceed.

1 A. On February 1st, 2023, Dominion filed Docket
2 23-057-03, or its pass-through application, with the
3 Public Service Commission requesting approval to
4 increase the commodity rates and charges for natural
5 gas service to Utah customers in total by
6 \$92.1 million.

7 The proposal includes a \$94.1 million increase
8 in the commodity portion of the rates, a \$2 million
9 decrease in the supplier non-gas portion of the rates,
10 no increase to the SNG amortization rate, and an
11 increase of the debit amortization rate for the
12 undercollected natural gas cost balance to \$1.9423 per
13 dekatherm.

14 The driving force behind the request being the
15 \$163 million increase in the undercollected 191 account
16 commodity portion in December of 2022; the total amount
17 balance as of December 31st, 2022, being
18 \$225.7 million.

19 The effect of this change for a typical GS
20 residential customer using 70 dekatherms per year
21 amounts to an increase in their total annual bill of
22 \$55.78 or roughly 6.43 percent.

23 While reviewing this docket, the Division
24 considered the impact of not reducing the base
25 commodity rate and the base SNG rate due to the

1 substantial undercollection that occurred in December
2 of 2022 and January of 2023. From additional
3 discussions and modeling, Dominion and the Division
4 support adjusting the original filing.

5 On February 21st, 2023, Dominion filed a
6 revised request to the Public Service Commission
7 requesting approval to increase the commodity rates and
8 charges for natural gas service to Utah customers in
9 total by 163.8 million. The revised proposal includes
10 \$163.8 million increase in the commodity portion of
11 rates, no decrease to the supplier non-gas portion of
12 rates, no increase to the SNG amortization rate, and a
13 debit amortization rate of \$1.95949 per dekatherm for
14 the -- for the 191 account amortization of the
15 commodity portion.

16 If the sum of the proposals in the revised
17 filing are approved, the effect of this change for a
18 typical GS residential customer using 70 dekatherms per
19 year would be to see an increase in their total annual
20 bill of \$99.91 or approximately 11.52 percent.

21 The Division has reviewed Dominion's
22 application and finds the proposed rate increase to be
23 just and reasonable for Utah customers and recommends
24 that the Commission approve the rates -- the rate
25 changes as outlined by Dominion in Docket 23-057-03 on

1 an interim basis with the proposed effective date of
2 March 1st, 2023.

3 This concludes my summary.

4 Q. Thank you. Just one clarifying question.
5 Does the Division believe that the rates, charges, and
6 other things requested in Dominion's updated filing are
7 in the public interest?

8 A. Yes.

9 Q. Thank you very much.

10 MS. SCHMID: That concludes the Division's
11 testimony in this docket. Mr. Cazier is now available
12 for questions from Dominion and from the hearing
13 officer.

14 PRESIDING OFFICER: Thank you.

15 Ms. Clark?

16 MS. CLARK: I have no questions. Thanks.

17 PRESIDING OFFICER: I guess just to clarify,
18 you had said that there was a correction you wanted to
19 make with respect to Exhibit 1.1 in the reply -- or I'm
20 sorry -- in the Division's comments.

21 MS. SCHMID: Yes. That's on the control
22 sheet.

23 PRESIDING OFFICER: Yeah.

24 MS. SCHMID: That is the first page of the
25 Division's, and the difference is stated here at 8.15,

Page 18

1 and if I'm correct, it should be 6-point --

2 THE WITNESS: Yes. So the original request
3 was a 6.43 increase, and our control sheet here
4 indicates 8.15 percent increase, and the final was the
5 11.52 percent increase.

6 PRESIDING OFFICER: Okay. So what was an
7 error was the 8.15?

8 THE WITNESS: Yeah.

9 PRESIDING OFFICER: Great.

10 THE WITNESS: The 8.52.

11 MS. SCHMID: And it should have been the --

12 THE WITNESS: Or 8.15, yes. Sorry.

13 MS. SCHMID: It should have been the
14 6-point --

15 THE WITNESS: The original was 6.43.

16 MS. SCHMID: Thank you.

17 PRESIDING OFFICER: Great. That clarified it.
18 Thank you very much.

19 Okay. I've got nothing further.

20 Okay. Next docket?

21 MS. CLARK: Thank you. The Company calls
22 Jesse Jackson.

23 PRESIDING OFFICER: And this is being called
24 in Docket 23-057-04.

25 Mr. Jackson, good morning.

1 THE WITNESS: Good morning.

2 PRESIDING OFFICER: Do you swear to tell the
3 truth?

4 THE WITNESS: Yes.

5 PRESIDING OFFICER: Please proceed. Thank
6 you.

7 MS. CLARK: Thank you.

8 JESSE JACKSON

9 was sworn and testified as follows:

10 DIRECT EXAMINATION

11 BY MS. CLARK:

12 Q. Mr. Jackson, can you please state your name
13 and business address for the record?

14 A. My name is Jesse Jackson. My business address
15 is 333 South State Street, Salt Lake City, Utah.

16 Q. And what position do you hold with the
17 company?

18 A. I'm a regulatory specialist.

19 Q. Mr. Jackson, did you prepare or cause to be
20 prepared the application in this docket along with
21 accompanying Exhibits 1.1 through 1.3 and also the
22 reply comments in this docket with accompanying
23 Exhibits 1.1U through 1.3U?

24 A. Yes.

25 Q. And do you adopt the contents of those

Page 20

1 documents as your testimony today?

2 A. Yes, I do.

3 MS. CLARK: The Company moves for the
4 admission of the application and the Company's reply
5 comments along with the accompanying exhibits.

6 PRESIDING OFFICER: Any objection?

7 MS. SCHMID: No objection.

8 PRESIDING OFFICER: Okay. They're admitted.

9 MS. CLARK: Thank you.

10 Q. (BY MS. CLARK) Mr. Jackson, can you please
11 summarize the relief the Company seeks with this
12 docket?

13 A. Yes. In this docket the Company requests an
14 adjustment to the transportation imbalance charge to
15 appropriately collect costs associated with managing
16 imbalanced dekatherms transported on the Company's
17 distribution system.

18 The proposed imbalance charge reflects costs
19 borne by the Company to manage net imbalance dekatherms
20 of transportation service customers divided by the
21 imbalance dekatherms over the 5 percent tolerance
22 threshold.

23 The transportation imbalance charge is made up
24 of several volumetric rates. Those volumetric rates
25 include the Clay Basin Fuel Gas Reimbursement, which is

1 a product of the base weighted average cost of gas,
2 filed in the pass-through docket.

3 Because the Company has submitted a revised
4 base WACOG rate in the pass-through docket, it has also
5 recalculated the transportation imbalance charge using
6 this revised WACOG rate. The resulting imbalance rate
7 of 9.2 cents is 2.8 percent lower than the
8 transportation imbalance charge currently in effect.
9 This charge will only be applied to transportation
10 service volumes that differ from nomination volumes by
11 more than 5 percent.

12 The transportation imbalance charge continues
13 to serve its intended purpose and is just, reasonable,
14 and in the public interest. The Company requests
15 approval of these interim rates effective March 1st,
16 2023, and this concludes my summary.

17 MS. CLARK: Mr. Jackson is available for
18 cross-examination and hearing officer's questions.

19 MS. SCHMID: I have one question.

20 CROSS-EXAMINATION

21 BY MS. SCHMID:

22 Q. And I could have misheard, but is the
23 corrected number 09187, not 0928? I could have
24 misheard.

25 A. Yeah. The correct number is 9.187 cents.

1 Q. Thank you.

2 A. Sorry. I rounded in my testimony to 9.2. So
3 I apologize for that confusion.

4 MS. SCHMID: I have a very talented and astute
5 analyst with me, because I would have rounded too.

6 PRESIDING OFFICER: Okay. But that did answer
7 your question; correct?

8 MS. SCHMID: That answered my question, and I
9 have no more.

10 PRESIDING OFFICER: And that number is as
11 what's reflected in the text of the reply column;
12 correct?

13 THE WITNESS: Correct.

14 PRESIDING OFFICER: Okay. I don't have any
15 questions either.

16 Okay. If you'd like to call your witness,
17 please.

18 MS. SCHMID: Thank you. The Division would
19 like to call Mr. Ryan Daigle. May he please be sworn?

20 PRESIDING OFFICER: Good morning, Mr. Daigle.
21 Do you swear to tell the truth?

22 THE WITNESS: Good morning. I do.

23 PRESIDING OFFICER: Great. Thank you.

24 RYAN DAIGLE

25 was sworn and testified as follows:

1 DIRECT EXAMINATION

2 BY MS. SCHMID:

3 Q. Please state and spell your name for the
4 record.

5 A. Ryan Daigle, R-y-a-n D-a-i-g-l-e.

6 Q. By whom are you employed, and what is your
7 business address?

8 A. The Division of Public Utilities, 160 East 300
9 South, Salt Lake City, Utah.

10 Q. What is your title?

11 A. Utility analyst.

12 Q. Have you participated on behalf of the
13 Division in this docket?

14 A. Yes, I have.

15 Q. Did your participation include reviewing the
16 application as originally filed, discussions with
17 Dominion and people within the Division, and then also
18 reviewing the updated information Dominion filed?

19 A. Yes, I did.

20 Q. And just to clarify, the Division's Action
21 Request Response was filed using numbers and things
22 from the Company's original application on
23 February 1st; is that correct?

24 A. Yes, it was.

25 Q. Do you have any changes or corrections to the

1 DPU Action Request Response filed and redacted in
2 confidential information on February 15th?

3 A. I do not.

4 Q. With that -- pardon me.

5 Do you adopt that as your testimony here
6 today?

7 A. I do.

8 MS. SCHMID: The Division would like to
9 request that its action request response be admitted.

10 PRESIDING OFFICER: Any objection?

11 MS. CLARK: No objection.

12 PRESIDING OFFICER: Okay. It's admitted.

13 MS. SCHMID: Thank you. Again, this is
14 unusual, but the Division would like to request
15 permission to have its analysis of Dominion's updated
16 filing be reflected in Mr. Daigle's summary.

17 MS. CLARK: No objection.

18 PRESIDING OFFICER: Okay. And, again, we
19 welcome that. Thank you.

20 MS. SCHMID: Thank you.

21 Q. (BY MS. SCHMID) Please proceed with your
22 summary.

23 A. Thank you. The transportation imbalance
24 charge was established to charge transportation
25 customers for the supplier non-gas services which are

1 being used on the company's natural gas distribution
2 network. The calculation of this rate is based on the
3 methodology approved in Docket 14-057-31 and is to be
4 adjusted with each pass-through filing and in the
5 general rate case.

6 This is the first adjustment in 2023, and with
7 this docket, the proposed adjustment represents a
8 change from .09449 to .09187 per dekatherm and is
9 calculated based on the actual volumes of gas used by
10 the transportation customers for the 12 months ending
11 December 31st, 2022.

12 This rate applies to customers who are taking
13 service under the transportation rate schedules, and
14 any amount collected is credited to the GS customers
15 through the 191 account. This transportation imbalance
16 charge rate does not impact all transportation
17 customers and applies only when a customer's
18 nominations are outside of a 5 percent daily tolerance
19 limit. Transportation customers can minimize or
20 entirely avoid the transportation imbalance charge
21 through accurate daily gas nominations.

22 Based on our initial review, the Division
23 believes that the requested changes and the resulting
24 rates are just, reasonable, and in the public interest.
25 The Division recommends that the proposed rate and

1 charges be approved on an interim basis until a full
2 audit review of the 191 account can be completed.

3 This completes my summary. Thank you.

4 MS. SCHMID: The Division has nothing further.
5 And Mr. Daigle is now available for cross-examination
6 questions and questions from the hearing officer.

7 MS. CLARK: I have no questions. Thanks.

8 PRESIDING OFFICER: Thank you.

9 I guess, Mr. Daigle, just to be clear, so the
10 Division supports the updated filing of Dominion for
11 purposes of the -04 docket; correct?

12 THE WITNESS: Yes, we do.

13 PRESIDING OFFICER: I'm sorry. You might have
14 said that. I just didn't hear it.

15 That's all I've got. Thank you.

16 MS. SCHMID: The Division has nothing further.

17 PRESIDING OFFICER: Wonderful. Anybody have
18 anything further?

19 Okay. I think that's it, and then we'll do
20 our best to get the order issued. Thank you very much
21 for coming.

22 (This public hearing was concluded at
23 9:28 a.m. MT.)

24 * * * * *

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


REPORTER'S CERTIFICATE

STATE OF UTAH)
)
COUNTY OF UTAH)

I, BROOKE SIMMS, an Idaho Certified Shorthand Reporter, Utah State Certified Court Reporter, and Registered Professional Reporter, hereby certify:

THAT the foregoing proceedings were taken before me at the time and place set forth in the caption hereof; that the proceedings were taken down by me in shorthand and thereafter my notes were transcribed through computer-aided transcription; and the foregoing transcript constitutes a full, true, and accurate record of such oral proceedings had, and of the whole thereof.

I have subscribed my name on this 8th day of March, 2022.



Brooke Simms, RPR, CCR, CSR
Idaho CSR No. 1174
Utah CCR No. 12335391-780

[03 - adjustment]

0	163.8 17:9,10 164 7:10 191 11:10 16:15 17:14 26:15 27:2 1st 8:4 16:1 18:2 22:15 24:23	3	94.1 16:7 99.91 7:24 17:20 9:00 1:14 4:6 9:28 27:23
03 4:21 04 4:22 27:11 057 5:9 09187 22:23 26:8 0928 22:23 09449 26:8	2	300 1:17 13:15 24:8 31st 16:17 26:11 333 5:24 20:15	a
1	2 16:8 2.8 22:7 20 3:6 2022 7:9 16:16 16:17 17:2 26:11 28:17 2023 1:13 8:4 16:1 17:2,5 18:2 22:16 26:6 21st 17:5 22 3:7 225 7:11 225.7 16:18 23-057-03 1:5 4:8 5:10 6:24 16:2 17:25 23-057-04 1:8 19:24 23-07-04 4:9 24 3:8 27 1:13 27th 4:6 28936 28:22	4	a.m. 1:14 4:6 27:23 able 9:13 accompanying 6:6,7,14,16 20:21,22 21:5 account 11:10 16:15 17:14 26:15 27:2 accurate 26:21 28:14 action 13:25 14:4,10,22 15:1,8 24:20 25:1,9 actual 11:14 26:9 added 15:17 additional 14:16 17:2 address 5:22,24 13:13,14 20:13 20:14 24:7 adjust 7:16 adjusted 26:4 adjusting 17:4 adjustment 1:4 1:7 21:14 26:6 26:7
1.1 6:6,15 18:19 20:21 1.1. 14:12 1.1u 6:7,16 20:23 1.3 20:21 1.3u 20:23 1.8 6:15 1.9423 16:12 1.95949 7:12 17:13 1.9u 6:8 1.9u. 6:16 11.52 7:25 17:20 19:5 1174 28:23 12 26:10 12335391-780 28:23 13 3:5 14-057-31 26:3 15th 13:25 25:2 160 1:17 13:14 24:8 163 16:15	5	403 1:18	
		6	
		5 3:3 21:21 22:11 26:18 55.78 16:22	
		6	
		6 19:1,14 6.43 16:22 19:3 6.43. 19:15	
		7	
		70 7:23 16:20 17:18	
		8	
		8.15 18:25 19:4 19:7,12 8.52. 19:10 84111 1:19 845,082,562 7:1 8th 28:16	
		9	
		9.187 22:25 9.2 22:7 9.2. 23:2 92.1 16:6	

[admission - changes]

<p>admission 6:14 15:1 21:4 admitted 6:19 15:5 21:8 25:9 25:12 adopt 6:10 14:21 20:25 25:5 agreed 7:17 aided 28:12 allowed 8:3 amortization 7:7,12 8:3 11:16 16:10,11 17:12,13,14 amount 16:16 26:14 amounts 16:21 analysis 14:15 25:15 analyst 13:14 15:14 23:5 24:11 analyzed 13:20 annual 7:24 16:21 17:19 answer 23:6 answered 23:8 anybody 5:3 27:17 apologize 23:3 appearances 4:10 application 1:3 1:6 6:5,14 7:6</p>	<p>7:17,22 11:3 13:21 14:5 16:2 17:22 20:20 21:4 24:16,22 applied 22:9 applies 26:12 26:17 appropriately 21:15 approval 7:1 16:3 17:7 22:15 approve 17:24 approved 7:22 17:17 26:3 27:1 approximately 17:20 asks 6:25 assistant 4:25 associated 21:15 astute 23:4 attorney 2:6 4:19,25 audit 27:2 austin 3:3 4:14 5:12,17,23 available 8:7 18:11 22:17 27:5 average 22:1 avoid 26:20</p>	<p>b</p> <p>back 9:20 balance 7:8,11 7:19 11:10,15 12:3,5 16:12 16:17 base 16:24,25 22:1,4 based 14:5 26:2 26:9,22 basin 21:25 basis 8:4 18:1 27:1 behalf 4:16,20 13:16 24:12 believe 14:9 18:5 believes 26:23 best 27:20 bill 16:21 17:20 bit 8:21 blank 10:2 borne 21:19 brooke 1:25 28:6,22 building 1:16 business 5:22 5:23 13:13 20:13,14 24:7 buying 9:23</p> <p>c</p> <p>c 2:1 3:3 4:1 5:12,17 13:9 calculate 10:24 11:2,7</p>	<p>calculated 11:13 26:9 calculation 10:24 26:2 california 9:18 9:22,23 call 5:8 12:19 23:16,19 called 15:13 19:23 calls 5:11 19:21 caption 28:10 carrying 11:3,4 11:23 12:5 case 26:5 cause 6:4 13:24 20:19 caused 9:21 cazier 3:4 4:22 12:19,20 13:3 13:9 18:11 ccr 1:25 28:22 28:23 cents 22:7,25 certificate 28:2 certified 28:6,7 certify 28:8 chairs 4:24 chance 15:9 change 16:19 17:17 26:8 changed 14:19 changes 7:17 17:25 24:25 26:23</p>
-----------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	-----------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	-----------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	--------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------

[charge - debit]

<p>charge 1:8 11:3 11:4,20,23 12:6 21:14,18 21:23 22:5,8,9 22:12 25:24,24 26:16,20</p> <p>charges 1:4 16:4 17:8 18:5 27:1</p> <p>city 1:19 5:24 13:15 20:15 24:9</p> <p>clarification 11:1</p> <p>clarified 19:17</p> <p>clarify 18:17 24:20</p> <p>clarifying 18:4</p> <p>clark 2:9 3:3,6 4:12,12 5:11 5:20 6:13,20 6:21 8:7 12:13 15:4,19 18:15 18:16 19:21 20:7,11 21:3,9 21:10 22:17 25:11,17 27:7</p> <p>clay 21:25</p> <p>clear 14:3 27:9</p> <p>collect 21:15</p> <p>collected 11:15 26:14</p> <p>column 23:11</p> <p>combination 10:19</p>	<p>coming 27:21</p> <p>comments 6:6 6:15 7:5,18 18:20 20:22 21:5</p> <p>commission 1:1 2:2 7:1 15:9 16:3 17:6,24</p> <p>commission's 4:4</p> <p>commodity 7:7 7:12 8:3 16:4,8 16:16,25 17:7 17:10,15</p> <p>companies 9:4 9:5,10</p> <p>company 4:16 5:11 6:2,13,22 7:14,15 9:24 14:13,16 19:21 20:17 21:3,11 21:13,19 22:3 22:14</p> <p>company's 7:3 7:5,17,18 21:4 21:16 24:22 26:1</p> <p>completed 27:2</p> <p>completes 27:3</p> <p>computer 28:12</p> <p>conclude 8:5</p> <p>concluded 27:22</p>	<p>concludes 18:3 18:10 22:16</p> <p>conditions 8:19</p> <p>confidential 14:1 15:2 25:2</p> <p>confusion 23:3</p> <p>considered 16:24</p> <p>consolidated 4:7</p> <p>constitutes 28:13</p> <p>contents 20:25</p> <p>context 8:17 15:17</p> <p>continue 11:22</p> <p>continues 22:12</p> <p>control 14:11 18:21 19:3</p> <p>correct 12:1 14:8 19:1 22:25 23:7,12 23:13 24:23 27:11</p> <p>corrected 14:10 22:23</p> <p>correction 18:18</p> <p>corrections 24:25</p> <p>cost 7:2,2 16:12 22:1</p> <p>costs 21:15,18</p>	<p>counsel 4:13,24</p> <p>county 28:4</p> <p>couple 8:13</p> <p>court 28:7</p> <p>coverage 7:2</p> <p>creating 8:19</p> <p>credited 26:14</p> <p>cross 3:7 8:8 22:18,20 27:5</p> <p>csr 1:25 28:22 28:23</p> <p>currently 9:19 22:8</p> <p>customer 7:23 16:20 17:18</p> <p>customer's 26:17</p> <p>customers 7:20 16:5 17:8,23 21:20 25:25 26:10,12,14,17 26:19</p>
d			
<p>d 3:1 4:1 24:5</p> <p>daigle 3:8 4:23 23:19,20,24 24:5 27:5,9</p> <p>daigle's 25:16</p> <p>daily 1:7 26:18 26:21</p> <p>date 18:1</p> <p>dated 13:25</p> <p>day 28:17</p> <p>debit 7:12 16:11 17:13</p>			

[december - filled]

<p>december 7:8 16:16,17 17:1 26:11 decrease 16:9 17:11 dekatherm 7:13 16:13 17:13 26:8 dekatherms 7:23 16:20 17:18 21:16,19 21:21 delaney 2:3 4:4 designated 4:5 deu 13:21 15:8 differ 22:10 difference 7:6 18:25 direct 3:3,5,6,8 5:19 13:5 20:10 24:1 discuss 5:6 14:12 15:15 discussed 7:5 13:20 discussions 14:14 17:3 24:16 distribution 21:17 26:1 divided 21:20 division 2:4 4:20 5:1 7:14 7:16 12:18 13:11,17 14:6</p>	<p>14:25 15:7,16 16:23 17:3,21 18:5 23:18 24:8,13,17 25:8,14 26:22 26:25 27:4,10 27:16 division's 13:25 14:22 18:10,20 18:25 24:20 docket 1:5,8 4:8,8,15,16,21 4:21,22,23 5:9 6:5,7,23,24 13:17 16:1,23 17:25 18:11 19:20,24 20:20 20:22 21:12,13 22:2,4 24:13 26:3,7 27:11 dockets 4:7 documents 21:1 doing 12:22 dominion 1:3,6 2:8 4:13 6:25 9:12 14:6 15:15 16:1 17:3,5,25 18:12 24:17,18 27:10 dominion's 17:21 18:6 25:15</p>	<p>dpu 14:12 15:1 25:1 drawing 10:2 driving 16:14 drought 10:12 10:13 due 7:7 14:14 16:25</p> <p style="text-align: center;">e</p> <p>e 2:1,1 3:1 4:1,1 13:9,9 24:5 east 1:17 13:14 24:8 effect 8:4 16:19 17:17 22:8 effective 18:1 22:15 either 23:15 el 9:17 elaborate 8:20 electricity 10:14 employed 13:10 24:6 energy 1:3,6 2:8 4:13 6:25 entirely 26:20 error 19:7 established 25:24 everybody 4:3 examination 3:3,5,6,7,8 5:19 8:8 13:5 20:10 22:18,20 24:1</p>	<p>27:5 exception 14:4 exhibit 14:11 18:19 exhibits 6:6,7 6:14,16 11:19 20:21,23 21:5 expected 9:2 expense 7:20 12:3 expensive 9:16 explanation 14:21 extreme 7:7 8:18</p> <p style="text-align: center;">f</p> <p>fall 7:4 8:24 february 1:13 4:6 13:25 16:1 17:5 24:23 25:2 feeds 9:18 file 14:17 filed 7:10 13:21 13:22,24 14:13 15:8 16:1 17:5 22:2 24:16,18 24:21 25:1 filing 7:3 17:4 17:17 18:6 25:16 26:4 27:10 fill 9:5,10 filled 9:13</p>
-----------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	--------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	-----------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	--------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------

[final - limit]

<p>final 14:19 19:4 finds 17:22 fine 10:4 first 4:8,14,21 5:9 14:11 18:24 26:6 floor 1:18 follow 11:18 12:13 follows 5:18 13:4 20:9 23:25 force 16:14 foregoing 28:9 28:13 form 14:1 15:2 formula 11:7 forth 28:10 forward 11:20 12:4 fourth 1:18 fuel 21:25 full 27:1 28:14 further 19:19 27:4,16,18 future 7:21</p>	<p>general 5:1 26:5 general's 2:6 4:19 generally 10:23 getting 9:19,22 give 8:16 10:3 15:12 go 8:3 9:13 going 5:6 11:20 12:4 good 4:3,18 5:13 9:12 12:20,22,24 13:2 19:25 20:1 23:20,22 great 10:22 12:7 19:9,17 23:23 greco 2:6 4:25 grown 7:9 gs 7:23 16:19 17:18 26:14 guess 18:17 27:9</p>	<p>heber 1:16 help 7:19 hereof 28:10 high 9:6 higher 9:1 10:21 historical 11:12 hold 6:1 20:16 hydro 10:13,17</p>	<p>initial 26:22 instance 15:13 intended 22:13 interest 7:20 8:2 11:9,20 12:2,5 18:7 22:14 26:24 interim 8:4 18:1 22:15 27:1 issue 9:16,17 9:22 issued 27:20</p>
<p>g</p>	<p>h</p>	<p>i</p>	<p>j</p>
<p>g 4:1 24:5 gas 1:4 7:2,2 9:15,22,24 10:16 16:5,9 16:12 17:8,11 21:25 22:1 25:25 26:1,9 26:21</p>	<p>happened 8:23 10:11 happening 10:20 happens 10:15 hear 9:21 27:14 hearing 1:12,18 4:5,7 8:8 18:12 22:18 27:6,22</p>	<p>idaho 28:6,23 imbalance 1:7 21:14,18,19,21 21:23 22:5,6,8 22:12 25:23 26:15,20 imbalanced 21:16 impact 16:24 26:16 include 14:7 21:25 24:15 includes 16:7 17:9 increase 7:6,8 7:24,24 16:4,7 16:10,11,15,21 17:7,10,12,19 17:22 19:3,4,5 increases 7:21 indicates 19:4 information 13:21 14:3,6 15:9,10,15 24:18 25:2</p>	<p>jackson 3:6 4:15 19:22,25 20:8,12,14,19 21:10 22:17 january 17:2 jennifer 2:9 4:12 jesse 3:6 4:15 19:22 20:8,14 john 2:3 4:4</p>
			<p>k</p>
			<p>kind 9:7 10:23</p>
			<p>l</p>
			<p>l 13:9,9 24:5 lake 1:19 5:24 13:15 20:15 24:9 led 9:7 10:21 limit 26:19</p>

[line - pardon]

<p>line 9:17,18,19 10:8 little 8:16,21 12:3 live 15:13 locations 9:24 looking 9:4 11:6 lot 9:3,9,23 lower 12:5,6 22:7</p>	<p>misheard 22:22 22:24 modeling 14:16 17:3 moment 10:3 monday 1:13 month 11:13 12:4 months 26:10 morning 4:3,18 5:13 12:20,22 19:25 20:1 23:20,22 move 14:25 moves 6:13 21:3 mt 1:14 27:23 multiplied 11:9</p>	<p>never 9:8,10 nomination 22:10 nominations 26:18,21 non 16:9 17:11 25:25 normal 9:14 normally 9:2 15:12 notes 28:12 number 6:24 11:13,14,14 22:23,25 23:10 numbers 14:18 24:21</p>	<p>15:3,5,18,20 18:13,14,17,23 19:6,9,17,23 20:2,5 21:6,8 23:6,10,14,20 23:23 25:10,12 25:18 27:6,8 27:13,17 officer's 22:18 oh 10:10,10 okay 4:10 5:5,8 11:11,17,25 12:11,17 15:5 19:6,19,20 21:8 23:6,14 23:16 25:12,18 27:19</p>
<p>m</p>	<p>n</p>	<p>o</p>	<p>operations 9:14 oral 28:14 order 27:20 original 7:17 13:20 14:5 17:4 19:2,15 24:22 originally 14:13 24:16 outdated 14:18 outlined 17:25 outside 26:18</p>
<p>m 1:16 made 21:23 make 14:3 18:19 manage 21:19 manager 6:3 managing 21:15 march 8:4 18:2 22:15 28:17 market 8:19 matters 5:6 means 10:13 mentioned 8:17 11:18 methodology 26:3 million 7:10,11 16:6,7,8,15,18 17:9,10 mind 10:1 minimize 26:19</p>	<p>n 2:1 3:1 4:1 24:5 name 4:4,12 5:21,23 13:7 20:12,14 24:3 28:16 natural 1:4 9:22,24 10:16 16:4,12 17:8 26:1 near 9:20 needs 14:9 nelson 2:9 net 21:19 network 26:2</p>	<p>o 4:1 o0o 1:2 4:2 objection 15:4 15:18 21:6,7 25:10,11,17 objections 6:17 6:18 15:3,19 occurred 17:1 office 2:6 4:19 5:4 officer 2:3 4:3 4:17 5:3,8,13 5:16 6:17,19 8:9,10,13,16 10:4,22 11:2,6 11:11,17,22,25 12:7,9,12,15,20 12:24 13:2</p>	<p>p</p>
			<p>p 2:1,1 4:1 page 3:2 14:11 18:24 pardon 25:4</p>

[part - record]

<p>part 13:19,23 participated 13:16 24:12 participation 13:19 24:15 paso 9:17 pass 1:3 6:24 7:3,10,21 11:3 16:2 22:2,4 26:4 patricia 2:5 4:18 patrick 2:6 4:25 paying 12:3 people 24:17 percent 7:25 16:22 17:20 19:4,5 21:21 22:7,11 26:18 permission 15:14 25:15 place 28:10 placed 9:20 please 4:11 5:8 5:21 6:21 8:20 12:19 13:7 15:25 20:5,12 21:10 23:17,19 24:3 25:21 plenty 9:14 point 14:17 19:1,14 portion 16:8,9 16:16 17:10,11</p>	<p>17:15 position 6:1 20:16 power 10:15,16 10:17 preliminary 5:5 prepare 6:4 13:24 20:19 prepared 6:5 20:20 present 15:23 presiding 2:3 4:3,17 5:3,8,13 5:16 6:17,19 8:10,13,16 10:4,22 11:2,6 11:11,17,22,25 12:7,9,12,15,20 12:24 13:2 15:3,5,18,20 18:14,17,23 19:6,9,17,23 20:2,5 21:6,8 23:6,10,14,20 23:23 25:10,12 25:18 27:8,13 27:17 prices 9:1,6,8 9:25 10:18,21 probably 8:24 proceed 15:25 20:5 25:21 proceedings 28:9,11,14</p>	<p>produce 10:15 10:17 producers 9:23 10:14,16 product 22:1 professional 28:8 proposal 16:7 17:9 proposals 17:16 proposed 7:18 8:2 17:22 18:1 21:18 26:7,25 proposing 7:14 provided 14:14 14:16 public 1:1,12 2:2,4 4:20 5:1 6:25 7:16 8:2 13:11 16:3 17:6 18:7 22:14 24:8 26:24 27:22 purchase 9:15 purpose 22:13 purposes 27:11 pushed 9:25</p> <p style="text-align: center;">q</p> <p>question 11:18 18:4 22:19 23:7,8 questions 8:8 8:12,14 10:23 12:10 18:12,16</p>	<p>22:18 23:15 27:6,6,7 quickly 7:19 12:4</p> <p style="text-align: center;">r</p> <p>r 2:1 4:1 13:9,9 24:5 raised 10:18 rate 7:7,12 8:17 11:9,16 12:5 16:10,11,25,25 17:12,13,22,24 22:4,6,6 26:2,5 26:12,13,16,25 rates 1:4 6:3 7:15 8:1,3 14:18 16:4,8,9 17:7,11,12,24 18:5 21:24,24 22:15 26:24 really 9:8,10 10:20 reasonable 8:1 17:23 22:13 26:24 recalculated 22:5 received 14:6 recent 7:3 recommends 17:23 26:25 record 5:22 13:8 20:13 24:4 28:14</p>
-------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	-----------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------

<p>redacted 14:1 15:2 25:1 reduce 7:19,21 11:19 12:2 reduced 9:7 reduces 10:18 reducing 16:24 referenced 15:16 reflected 23:11 25:16 reflects 21:18 registered 28:8 regulation 6:3 regulatory 20:18 reimbursement 21:25 relief 6:22 21:11 remain 7:15 reply 6:6,15 7:5 7:18 18:19 20:22 21:4 23:11 reported 1:25 reporter 11:1 28:7,7,8 reporter's 28:2 representative 4:5 representing 5:1 represents 26:7</p>	<p>request 8:2 13:25 14:4,10 14:22 15:1,8 15:14 16:14 17:6 19:2 24:21 25:1,9,9 25:14 requested 18:6 26:23 requesting 16:3 17:7 requests 21:13 22:14 residential 16:20 17:18 respect 18:19 respectfully 6:25 response 13:25 14:4,10,19,22 15:1,8 24:21 25:1,9 resulting 22:6 26:23 results 7:11 retrace 10:6 review 15:10 26:22 27:2 reviewed 13:20 17:21 reviewing 16:23 24:15,18 revised 17:6,9 17:16 22:3,6</p>	<p>right 4:9 5:5 11:21 room 1:18 roughly 16:22 rounded 23:2,5 rpr 1:25 28:22 russ 4:21 12:19 russell 3:4 13:3 13:9 ryan 3:8 4:23 23:19,24 24:5</p> <p style="text-align: center;">s</p> <p>s 2:1 4:1 13:9,9 salt 1:19 5:24 13:15 20:15 24:9 save 7:20 schedules 26:13 schmid 2:5 3:5 3:7,8 4:18,19 5:7 6:18 8:11 8:12 12:16,17 12:18 13:6 14:25 15:6,7 15:12,21,22 18:10,21,24 19:11,13,16 21:7 22:19,21 23:4,8,18 24:2 25:8,13,20,21 27:4,16 second 4:8,16 4:22 10:2</p>	<p>see 7:23 17:19 seeking 6:22 seeks 21:11 serve 22:13 service 1:1,5 2:2 7:1 9:19,20 16:3,5 17:6,8 21:20 22:10 26:13 services 25:25 set 28:10 settle 9:9 several 8:23 21:24 sheet 14:11 18:22 19:3 shorthand 28:6 28:11 sic 4:9 signature 28:22 simms 1:25 28:6,22 simple 11:8 situation 8:20 9:4,12 10:15 sng 16:10,25 17:12 sorry 5:9 18:20 19:12 23:2 27:13 south 1:17 5:24 13:15 20:15 24:9 southern 9:18</p>
--------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	----------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	----------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	---------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------

[speaking - undercollected]

<p>speaking 4:15 specialist 20:18 spell 13:7 24:3 start 4:10 started 8:24 state 5:21,24 13:7 20:12,15 24:3 28:3,7 stated 18:25 steps 10:7 storage 9:4,5 9:11,13,16 10:9 street 5:24 20:15 submitted 15:7 22:3 subscribed 28:16 substantial 17:1 sum 17:16 summarize 6:22 21:11 summary 8:5 15:22 18:3 22:16 25:16,22 27:3 summer 8:25 9:2 summers 3:3 4:14 5:12,13 5:17,21,23 6:4 6:21 8:7</p>	<p>supplier 16:9 17:11 25:25 supply 9:8,15 9:21 10:18 support 17:4 supported 15:16 supports 27:10 sure 8:15,22 12:8 surrebuttal 15:13 swear 5:14 12:24 20:2 23:21 sworn 5:18 12:19 13:4 20:9 23:19,25 system 21:17</p>	<p>text 23:11 thank 4:17,23 5:2,11,16 6:20 8:10 10:22 12:7,18 13:2 15:6,21 18:4,9 18:14 19:16,18 19:21 20:5,7 21:9 23:1,18 23:23 25:13,19 25:20,23 27:3 27:8,15,20 thanks 12:14 18:16 27:7 thereof 28:15 thing 10:1,9,11 14:9 things 8:23 10:19 18:6 24:21 think 8:18 9:3 10:3 27:19 thinking 10:9 threshold 21:22 time 10:5,20 14:19 28:10 title 13:12 24:10 today 4:6,13,16 5:4 6:11 14:23 15:23 21:1 25:6 tolerance 21:21 26:18</p>	<p>total 7:24 16:5 16:16,21 17:9 17:19 transcribed 28:12 transcript 28:13 transcription 28:13 transportation 1:7 21:14,20 21:23 22:5,8,9 22:12 25:23,24 26:10,13,15,16 26:19,20 transported 21:16 true 15:17 28:14 truth 5:14 12:25 20:3 23:21 two 4:7,24 10:22 typical 7:22 16:19 17:18</p>
	t		
	<p>table 4:24 take 10:4 taken 1:13 28:9 28:11 talented 23:4 tell 5:14 12:25 20:2 23:21 testified 5:18 13:4 20:9 23:25 testifying 4:14 testimony 6:10 14:22 18:11 21:1 23:2 25:5</p>		
			u
			<p>u 13:9 ultimately 9:7 unchanged 7:15 under 26:13 undercollected 7:8,19 11:15 16:12,15</p>

[undercollection - z]

undercollecti... 7:9 8:17 17:1 undergoing 14:15 undertaking 14:15 unusual 25:14 update 14:7 updated 11:19 13:21 15:8,10 15:15 18:6 24:18 25:15 27:10 used 7:3 8:18 14:17 26:1,9 using 7:23 10:16 16:20 17:18 22:5 24:21 usually 11:12 utah 1:1,3,5,6 1:19 2:6,8 4:13 4:19 5:25 6:25 7:1,23 16:5 17:8,23 20:15 24:9 28:3,4,7 28:23 utilities 2:4 4:20 5:1 7:16 13:11 24:8 utility 13:14 24:11	v	x	
	version 14:17 14:20 volumes 22:10 22:10 26:9 volumetric 21:24,24	x 3:1	y
	w	y 24:5 yeah 8:22 10:6 11:4,8,21 18:23 19:8 22:25 year 7:23 10:13 16:20 17:19	z
	wacog 22:4,6 want 9:5 wanted 18:18 water 10:14 way 12:1,2 weighted 22:1 welcome 5:3 15:20 25:19 wells 1:16 west 9:3,8 10:12,18 witness 4:21,22 5:9,15 8:15,22 10:6 11:4,8,12 11:21,24 12:1 12:8,11,17,22 13:1 19:2,8,10 19:12,15 20:1 20:4 23:13,16 23:22 27:12 wonderful 27:17 word 8:18 work 12:2 worked 7:16	z 13:9	

Utah Rules of Civil Procedure
Part V. Depositions and Discovery
Rule 30

(E) Submission to Witness; Changes; Signing.
Within 28 days after being notified by the officer that the transcript or recording is available, a witness may sign a statement of changes to the form or substance of the transcript or recording and the reasons for the changes. The officer shall append any changes timely made by the witness.

DISCLAIMER: THE FOREGOING CIVIL PROCEDURE RULES
ARE PROVIDED FOR INFORMATIONAL PURPOSES ONLY.
THE ABOVE RULES ARE CURRENT AS OF APRIL 1,
2019. PLEASE REFER TO THE APPLICABLE STATE RULES
OF CIVIL PROCEDURE FOR UP-TO-DATE INFORMATION.

VERITEXT LEGAL SOLUTIONS
COMPANY CERTIFICATE AND DISCLOSURE STATEMENT

Veritext Legal Solutions represents that the foregoing transcript is a true, correct and complete transcript of the colloquies, questions and answers as submitted by the court reporter. Veritext Legal Solutions further represents that the attached exhibits, if any, are true, correct and complete documents as submitted by the court reporter and/or attorneys in relation to this deposition and that the documents were processed in accordance with our litigation support and production standards.

Veritext Legal Solutions is committed to maintaining the confidentiality of client and witness information, in accordance with the regulations promulgated under the Health Insurance Portability and Accountability Act (HIPAA), as amended with respect to protected health information and the Gramm-Leach-Bliley Act, as amended, with respect to Personally Identifiable Information (PII). Physical transcripts and exhibits are managed under strict facility and personnel access controls. Electronic files of documents are stored in encrypted form and are transmitted in an encrypted fashion to authenticated parties who are permitted to access the material. Our data is hosted in a Tier 4 SSAE 16 certified facility.

Veritext Legal Solutions complies with all federal and State regulations with respect to the provision of court reporting services, and maintains its neutrality and independence regardless of relationship or the financial outcome of any litigation. Veritext requires adherence to the foregoing professional and ethical standards from all of its subcontractors in their independent contractor agreements.

Inquiries about Veritext Legal Solutions' confidentiality and security policies and practices should be directed to Veritext's Client Services Associates indicated on the cover of this document or at www.veritext.com.